

RESUMING 2.15 P.M. 1  
DISCUSSION RE TIMETABLE 2  
MR BORICK: When Professor Cooper has finished his 3  
evidence-in-chief, I would like to start the 4  
cross-examination; I don't think I'm going to be all 5  
that long. Before I conclude, I would like a 10 minute 6  
break just to confer with my experts. 7  
HIS HONOUR: I don't think that will be a problem. 8  
MS McDONALD CALLS 9  
+DAVID ALBERT COOPER SWORN 10  
+EXAMINATION BY MS McDONALD 11  
Q. What positions do you currently hold. 12  
A. Currently I'm the Ciencia Professor of Medicine at the 13  
University of New South Wales in Sydney. I'm Director 14  
of the National Centre in HIV Epidemiology and Clinical 15  
Research also at the University of New South Wales, and 16  
I'm head of the HIV infectious diseases immunology 17  
clinical services unit at St Vincent's Hospital in 18  
Sydney, which provides care for people with HIV. 19  
Q. What is a Ciencia Professor. 20  
A. It is a special recognition by the University of New 21  
South Wales of high level achievement amongst the 22  
professorial ranks, and it's given to about five or six 23  
professors every three years. 24  
Q. I want to ask you some questions about your background 25  
and your experience in relation to HIV and AIDS. 26  
Firstly, have you been awarded an Order of Australia. 27  
A. Yes, I have indeed. I was very proud to have received 28  
that, and it was from the work that I'd done in the 29  
development - with, of course, many other people - of 30  
antiretroviral therapy to treat this dreadful disease, 31  
and I'm very proud of that achievement. 32  
Q. When did you receive that. 33  
A. Gosh time flies. I think it was three years ago. 34  
Q. I'm not going to take you through everything you've done 35  
and all the experience you've had because it would take 36  
up all the time we have, but have you provided for the 37  
court a current curriculum vitae. 38

A. Yes, I have, I believe, yes. 1  
EXHIBIT #P53 CURRICULUM VITAE OF PROFESSOR DAVID A. COOPER 2  
AO TENDERED BY MS McDONALD. ADMITTED. 3  
4  
HIS HONOUR: You have seen that have you? 5  
MR BORICK: Yes. 6  
XN 7  
Q. I'm going to ask that his Honour has the curriculum 8  
vitae in front of him, so we'll talk to the document and 9  
I will ask you some questions about what is in your CV. 10  
You've set out your education background and I won't 11  
take you through that. Then you go on to postgraduate 12  
training internship and residencies. 13  
A. That is correct. 14  
Q. From there, you set out for us your research 15  
fellowships. I want to move over to the topic of 16  
academic appointments because you have held a number of 17  
those. From 1981 to 1983, were you a research fellow in 18  
pathology at the Harvard Medical School. 19  
A. Yes, I was. 20  
Q. What did that involve. 21  
A. That was my sort of postdoctoral training. I went to a 22  
very famous laboratory at Harvard Medical School in the 23  
Dana Farber Cancer Centre. Indeed, it was the 24  
laboratory in which human CD4 was first recognised and, 25  
without the work of that laboratory, we wouldn't have 26  
been able to understand the pathogenesis of HIV so well, 27  
so it was tremendous experience in learning about 28  
subsets of lymphocytes. 29  
Q. Was that happening when you were there. 30  
A. Yes, it was indeed, and the extraordinary thing, of 31  
course, was 1981 was when the AIDS epidemic was first 32  
discovered or described in the United States, and we 33  
were referred samples from patients to have a look at 34  
their CD4 cells in that laboratory, so it was a very 35  
exciting time. 36  
Q. From 1986 to 1989, it appears that you held a couple of 37  
positions, one being the Director, National Health and 38

.TAN...00910

666

D.A. COOPER XN

- Medical Research Council of Australia, Special Unit in  
AIDS Epidemiology and Special Research at the University  
of New South Wales, and also you're a senior lecturer in  
medicine at that same university.
- A. Right, that's correct and that special unit evolved into  
the national centre.
- Q. Over the page in your CV, you set out professional  
positions and committee assignments: World Health  
Organisation, UN AIDS, Geneva Switzerland. Can you tell  
us about your involvement in that organisation.
- A. Yes. In the early 1990s, I was invited to chair an  
advisory committee to be Director of the Global Program  
on AIDS of the WHO at that time, and this was on  
clinical research and drug development, so a group of  
us, about 10 or 12 international experts, advised the  
WHO on what they should be doing in terms of clinical  
research and drug development for this disease, so that  
was a great honour and a very exciting time for us to be  
advising the World Health Organisation.
- Q. Have you continued to have any involvement with that  
organisation since then.
- A. Yes. That committee was altered when UN AIDS was  
formed, so that that folded into the new UN AIDS  
mechanism, and WHO's role in the HIV epidemic was  
decreased at that time. It's since, of course,  
reemerged quite strongly and now I've got two roles with  
the WHO: the first is the chair of the Vaccine Advisory  
Committee. This is a combined WHO/UN AIDS committee on  
HIV AIDS vaccines which I chair, which means once or  
twice a year, to advise WHO/UN AIDS on priorities for  
vaccine development; and the second committee is the  
Strategy Committee of WHO about what they should be  
doing to assist member States in treatment and care and  
prevention of HIV disease.
- Q. During the course of your answer, you referred a number  
of times to 'UN AIDS'.
- A. Yes.
- Q. Can you tell us what that is.

- A. Right, so when it was realised in the early 1990s - late 1980s/early 1990s - that this was a very serious epidemic, the WHO and other members of the UN community felt that there was not enough emphasis being given to promoting, you know, treatment, prevention and care in this epidemic, so the UN resolved to form this special branch of the UN, similar to, say, UNICEF or UNDP, in which all UN agencies would be represented to promote the cause of HIV/AIDS around the world, and it has continued to do so and has been very, very successful under the leadership of Dr Peter Piot.
- Q. I just want to ask you about a couple of aspects of your involvement in these organisations. In your CV you describe being a member of the Trial Management Committee at Petra, study on peri-natal HIV transmission in Africa. Can you tell us what that was about.
- A. Yes. That was a very important study. As part of my advisory role to WHO in the Clinical Research and Drug Development Committee, we were particularly keen to increase the ability of antiretroviral therapy to prevent mother to child transmission, so we set up this study looking at dual therapy at that time, so to nuclear science, to prevent mother to child transmission in countries in Sub-Saharan Africa - so Tanzania, Uganda and the Republic of South Africa - and we did this as a consortium, and I approached AusAID, the Australian International Development agencies, who were very keen to assist in that, and they donated money to do this trial, which was eventually published in the Lancet with very positive results and, because of that, I was invited to become a member of the Trial Management Committee.
- Q. You were also a member of the Comprehensive International Program for Research on AIDS (CIPRA) HIV Research Program in Thailand and Cambodia International Steering Committee. That is a mouthful, but what was that all about.
- A. Yes, so the National Institutes of Health, which is the

largest public sector funder of HIV/AIDS research in the world, has a number of research programs which I'm involved in. A few years ago, they wanted to promote the ability of developing countries to carry out their own research, and the National Centre had been working for some time in Thailand and Cambodia on these aspects and, together with these partners, we applied for this CIPRA grant and were successful. We're now doing a study in Thailand and Cambodia, supported by the National Institutes of Health, which looks at whether early treatment of children with HIV infection is better than deferral, and that study is recruiting at this moment. What we're very excited about is that we have been able to assist a country like Cambodia, which was decimated in the Pol Pot years with only 500 doctors left at the end, you know, when Pol Pot was finally removed, and to have absolutely no, you know, sort of research training or abilities, and so this really upskills them and gives them technology transfer and being able to do clinical research, so it's a very important grant.

Q. You were also a member of the Smart Executive Committee.

A. Yes, Smart is the largest HIV clinical trial that has been done to date, again sponsored by the National Institutes of Health, and looks at whether continuous antiretroviral therapy is better than intermittent antiretroviral therapy. The trial completed in January of last year with a positive result showing that treatment interruptions were not very good for you with a two and a half fold rate of death and disease compared to staying on antiretroviral treatment.

Q. So that major study you were involved in, as recently as last year, showed that disrupting antiretroviral treatment had a negative impact on someone who had been diagnosed as HIV positive.

A. Right, so one of the premises of that started with there had been some reasonable concerns in the academic community that antiretroviral therapy, as well as being

- efficacious, did have some trade-offs with respect 1  
toxicity, and so the study was done to try and spare the 2  
amount of antiretroviral therapy people took. We 3  
thought that it may be okay to have periods off 4  
antiretroviral treatment. The study was really quite 5  
extraordinary and resounding in the fact that if you 6  
interrupted therapy, you got sick and died at a rate two 7  
and a half times greater than if you stayed on 8  
treatment, and this has changed treatment guidelines 9  
internationally as a result of that study which we were 10  
involved in and helped run the study throughout the 11  
world. 12
- Q. So the study was conducted throughout the world. 13
- A. Yes, it was conducted in about 30 countries; we sort of 14  
divided up the world so there were different regional 15  
coordinating centres, and we coordinated sites in 16  
Australia and in the Asia-Pacific region. 17
- Q. You have also been a member of the Treat Asia Steering 18  
Committee. What is that. 19
- A. Treat Asia is a responsive non-government organisation - 20  
the American Foundation for AIDS Research, which you may 21  
recall was started with the assistance of Elizabeth 22  
Taylor to promote AIDS research, so it's a private 23  
foundation headquartered in New York - and it was 24  
interested in trying to promote treatments in 25  
Asia-Pacific, then thinking that a lot of effort was 26  
going into Africa and not enough was going into Asia, so 27  
this was set up about four years ago and we at the 28  
National Centre had technical advisers for this 29  
proposal, which has been very, very successful, in 30  
multiple sites throughout our region. 31
- Q. Over the years, you have been involved in a number of 32  
editorial boards. 33
- A. Yes, I've been on the editorial boards of major 34  
specialist HIV/AIDS journals, particularly the Journal 35  
of Infections Disease and the major specialist journal 36  
in the field, which is also called 'AIDS'. 37
- Q. You have been on a number of government advisory bodies. 38

A. Indeed I have. 1

Q. And also you have had a number of memberships and 2  
assignments in professional societies. They are all set 3  
out in your CV. 4

A. Correct. 5

Q. You are also a member of a number of other international 6  
organisations. 7

A. Yes. I guess the one I'm most - the one that I'm most 8  
proud of is my presidency of the International Aids 9  
Society, which is a worldwide organisation of health 10  
professionals and scientists, an international 11  
professional society involved in HIV/AIDS, and I was 12  
president for four years from 1994-1998. It is a very 13  
successful organisation; it is the sponsor of all the 14  
World Aids Conferences, and there is a very large public 15  
advocate and policy organisation right now. The thing I 16  
did that I was most proud of during my presidency is 17  
took the World Aids Conference to the developing world, 18  
and it was under my presidency that we selected Durban, 19  
South Africa, in 2000, and I believe that that was a 20  
revolutionary meeting because, for the first time, the 21  
developed world saw the tragedy of the HIV/AIDS epidemic 22  
in Sub-Saharan Africa, and some of the things that have 23  
been developed, such as the Global Fund, UNGAS, World 24  
Bank, Gates, President Bush's emergency plan for the 25  
relief of AIDS, have all accelerated since that meeting, 26  
so it was a very important meeting and I'm very pleased 27  
that it did happen in South Africa. 28

CONTINUED 29

Q. What is UNGAF. 1  
A. UNGAF was a special session of the United Nations which 2  
occurred in I think 2002 or 2003 and that launched the 3  
global fund for the treatment of HIV, TB and malaria. 4  
Q. Now part of your curriculum vitae is a bibliography 5  
which sets out pretty much, year by year, the various 6  
publications that you have been involved in. 7  
A. That's right. 8  
Q. I'm not going to take you to them but there are many. 9  
A. Yes, I think there is almost about 500 publications. 10  
They are most exclusively in the HIV field, although I 11  
have published in immunology and clinical medicine. The 12  
thing that I'm really again very proud of is the fact 13  
that I'm one of the 10 most cited clinical scientists in 14  
worldwide HIV/AIDS so those publications have been cited 15  
so many times that enable me to be called, you know, one 16  
of the top 10 - the top 10 clinical scientists in the 17  
world. 18  
Q. I have noticed that in your bibliography, on occasions, 19  
at the end of the entry you included a letter in 20  
brackets. Have you done that to indicate that that 21  
particular indication is a letter as opposed to a peer 22  
review of an article. 23  
A. That's correct. Most letters to medical journals are 24  
not peer-reviewed, they are reviewed by the editors of 25  
the journal and they are generally related to the 26  
correspondence about an article that was published. 27  
Q. You have been involved in providing a statement for the 28  
court in relation to this case. 29  
A. Yes, I have. 30  
EXHIBIT #P54 STATEMENT OF PROFESSOR DAVID COOPER TENDERED 31  
BY MS McDONALD. ADMITTED. 32  
33  
HIS HONOUR: You have seen it Mr Borick? 34  
MR BORICK: Yes, I have. 35  
XN 36  
Q. Because time is short, I'm going to cut to the chase. 37  
HIS HONOUR: You can take it that I read it. 38



MS McDONALD: Thank you. 1  
XN 2  
Q. I'm going to put some propositions that have arisen in 3  
this court and ask you to comment. I ask you to do so 4  
based on your experience and involvement in HIV and AIDS 5  
around the world. The first is the proposition that HIV 6  
has never been proved to exist. 7  
A. Well, that's absolutely wrong. It's a virus, it's been 8  
isolated on many, many occasions now from many different 9  
types of patients worldwide. Its genetic sequences is 10  
extensively known. It is probably one of the most 11  
studied viruses - indeed, micro-organisms that has ever 12  
existed and, you know, with a gene bank - for example, 13  
where gene sequences are registered, there are thousands 14  
and thousands of sequences of this virus that have been 15  
deposited in a gene bank from laboratories all over the 16  
world and there are variances of this human 17  
immunodeficiency virus, so to say that it does not exist 18  
is simply scientific ~~fact~~<sup>fact</sup> truth. 19  
HIS HONOUR 20  
Q. When you say that the virus has been isolated many 21  
times, what do you mean by 'isolation'. 22  
A. So there are a number of ways to isolate the virus. The 23  
most usual way is to culture it from white blood cells 24  
that are infected with HIV and that's been done on 25  
numerous occasions and people have taken micro graphs of 26  
that and there are many many pictures of that in the 27  
literature. Once that virus is purified, it's then 28  
genetically sequenced and those sequences are unique, 29  
just like every organism on the planet has unique 30  
sequences and markers. So that sequence is unique and 31  
because of the revolution in molecular biology, most 32  
people now handle the identification of that virus 33  
through molecular biological techniques which have been 34  
revolutionised over the last 20 years and used in almost 35  
all diagnostic proprieties and research laboratories 36  
around the world. 37  
38

XN 1

Q. The second proposition that I want to put to you is that 2  
HIV has not been proved to be sexually transmittable. 3

A. That is absolutely wrong. We have a generalised 4  
epidemic in sub-Sahara in Africa in which - in some 5  
countries up to 35 to 40% - for example in Botswana and 6  
Zambia, Zimbabwe, are infected and in order to have a 7  
generalised epidemic like that, of young people, you 8  
know, young adults, that essentially means that this has 9  
to be a heterosexually transmitted epidemic. 10

Q. What causes you to have the very firm view that this 11  
virus is sexually transmitted. 12

A. So, well it's - it is all sub-Sahara in Africa - I was 13  
pointing out the countries that are worse affected. So 14  
there is - you know, there is good data that the sexual 15  
partners that - HIV infected persons are at risk and can 16  
become infected with HIV should they not use condoms, so 17  
these could be sexual partners of people who developed 18  
HIV from blood transfusions or injecting drug users and 19  
other people in heterosexual and homosexual 20  
relationships. So the numerous cases have been followed 21  
in which there are pairs of people and the negative 22  
partner becomes infected with HIV and this is 23  
well-documented throughout the medical literature. 24

Q. The next proposition that I want to put to you is that 25  
the tests used for diagnosing are not reliable, 26  
particularly ELISA in the Western blot. 27

A. Right. Again that is absolutely wrong. Diagnostic 28  
tests in medicine are sometimes problematic and we say 29  
that diagnostic tests should be sensitive and specific 30  
and, you know, diagnostic medicine is sometimes not easy 31  
because we don't have the best tests for diagnosis to 32  
include a disease or to exclude a disease. In this 33  
case, we have one of the best tests ever. There is no 34  
diagnostic test in medicine that has the sensitivity and 35  
specificity of the HIV antibody test, whether it is done 36  
by ELISA or by Western blot. The test is 99. - very 37  
close to 99.9% sensitive and 99.9% specific. So there 38

- is no better diagnostic test in medicine that I know of. 1
- Q. The next proposition is that the antiretroviral 2  
medication does not work. 3
- A. Well, that's again - again, that's absolutely incorrect. 4  
Potent antiretroviral therapy was introduced in 1996 5  
requiring three drugs to fully suppress the virus and 6  
when that was introduced there was a revolution in the 7  
outcomes of people with HIV/AIDS. The death rate 8  
plummeted. Hospital wards were full of young, sick and 9  
dying people and they emptied out. Hospices closed and 10  
the outcomes of people with HIV just dramatically 11  
altered such that you now have people who are 70 or 80 12  
years old with HIV doing very well on antiretroviral 13  
therapy. Before 1996, in our ward - we had a ward in St 14  
Vincent's hospital, which is the epicentre of the 15  
epidemic in Australia - we had 20 beds. It was always 16  
overflowing with the young and sick and dying, dying 17  
people, and it was a tragedy and we had usually, you 18  
know, four to six to eight deaths in a month in 19  
1994/1995. It was the most horrible thing that any 20  
clinician could face and one of the horrible experiences 21  
that I have ever had and this applies to many of my 22  
colleagues around the world who I know very well from 23  
all the collaborations that we have done. That just 24  
completely stopped so the ward emptied out and the death 25  
rate is much, much lower. We would have perhaps two or 26  
three deaths a year from this disease right now. 27
- Q. What sort of death rate was there pre the antiretroviral 28  
era. 29
- A. This was a uniformly fatal disease. The statistics were 30  
extremely known. 50% of HIV people would develop AIDS 31  
within 10 years and those people who developed AIDS most 32  
would be dead within one to two years. 33
- Q. I want to put another proposition to you and that is 34  
that blood transfusions, of themselves, cause a person 35  
to have positive antibodies or HIV antibodies and then 36  
it causes AIDS. 37
- A. Well, that again is absolutely false. HIV of course can 38

be transmitted by infected blood products so that's 1  
only, in that circumstance, produce a positive antibody 2  
test but that's due to HIV infection. There is a 3  
well-described phenomenon in medicine which is involved 4  
in, I guess, diagnostic pathology for micro-organisms 5  
and immunological diseases and that is that people do 6  
make antibodies and the immune system is pretty specific 7  
and pretty good, but the way it works is that it takes 8  
chances to make sure that it covers everything and so, 9  
as the immune response to a particular organism is 10  
maturing, the antibodies, if you like, become more and 11  
more specific to the antigen that is causing that immune 12  
response. There are a lot of antibodies formed but at 13  
low levels and cross-react with other material in the 14  
body. This is probably the explanation for the 15  
phenomenon of forming cross-reactive antibodies with 16  
transfusions. So if you are transfused with blood 17  
products, there are minor genetics between the donor and 18  
the recipient. It will recognise that and it will make 19  
these low level antibodies, which are not specific, but 20  
can cross-react with numerous micro-organisms including 21  
HIV and there are - we do find small numbers of HIV 22  
positive, as with ELISA, some of whom have in fact had 23  
multiple transfusions. These are a manifestation of 24  
these cross-reactive antibodies. This can be concluded 25  
by the fact that the antibody - the amount of antibody 26  
does not go up over time. The Western blot is negative 27  
and the virus cannot be isolated from these people. 28

Q. Whilst on the topic of blood transfusion, in the early 29  
days of the epidemic, was it the case that there were a 30  
number of people who reported as becoming HIV positive 31  
as a result of receiving contaminated blood. 32

A. Absolutely, absolutely. That was one of the triumphs of 33  
the Australian response to the HIV/AIDS epidemic which 34  
was securing the blood supply earlier on and we were the 35  
second country in the world to adopt universal screening 36  
of our blood supply for HIV and completely eliminated 37  
transfusion associated with HIV/AIDS. 38

- Q. It is eliminated in Australia now. 1
- A. There are one or two small exceptions and that is what 2  
is called the 'window period'. So when you first become 3  
infected you don't make - you don't always make 4  
antibodies quickly enough and in that short window, in 5  
that one to two weeks, it is possible for an infected 6  
blood donor to be missed through the system. There has 7  
been one or two cases since universal screening. 8
- Q. When was that; when was it introduced. 9
- A. Universal screening was introduced in 1985 I believe. 10  
'85, yes, early '85/'86. I think up until that time we 11  
had a couple of hundred people with transfusion acquired 12  
HIV in Australia. Since then, there has been two cases 13  
which have been attributed to the window period. The 14  
blood banks have done a tremendous job introducing even 15  
more sophisticated technology to rule out the window 16  
period. I believe in the last few years there have been 17  
no cases of transfusions getting through the window 18  
period. 19
- Q. Was there a particular case involving a young child that 20  
caused some controversy. 21
- A. Are you referring to the Queensland babies or? 22
- Q. No. Was there a case in which a young child became HIV 23  
positive. Excuse me. In Victoria, as a result of 24  
receiving some contaminated blood. 25
- A. I'm not specifically aware of that case that you are 26  
referring to. 27
- Q. I will speak to someone else about that. 28
- A. Yes, there was certainly four babies in Queensland, that 29  
were premature babies, that were transfused just before 30  
universal screening from the one donor which was a very 31  
sad occurrence. 32
- Q. What method is currently used in Australia for screening 33  
blood donations. 34
- A. I'm not a blood bank - I'm not up-to-date with the 35  
latest technologies that the blood bank does use 36  
screening. I believe you have other experts who will 37  
tell you about blood testing. What we do in our 38

diagnostic laboratory to identify people who could be  
HIV positive is we do the ELISA tests and we do two  
different ELISA tests and we confirm that with the  
Western blot test.

Q. The next proposition I want to put to you - and I'm  
going to actually cite you something that was said in  
the evidence as part of that - the proposition is:  
'There is a massive epidemic of HIV testing and positive  
tests, but there is no massive epidemic of HIV infection  
because no-one has proved it'.

A. Yes, well I mean that's - that's just a wrong statement.  
It is outrageous. There are - the death rate from this  
disease in South Africa is extraordinary, there are five  
million people infected with HIV in the Republic of  
South Africa. Deaths occur day after day, hundreds of  
deaths occur day after day still and the fact that the  
Republic of South Africa has only just introduced  
antiretroviral therapy, when it should have done so  
several years back, is due to this extraordinary  
denial-ism that some people in high level of the  
government of South Africa, including the president I  
believe, it just simply is not true. People die of this  
disease every day in South Africa.

CONTINUED

- Q. You just mentioned then the introduction of  
antiretrovirals in South Africa. How recently did that  
occur.
- A. So it has been happening fortunately, sometimes State  
governments are more sensible than Federal governments,  
so the provincial governments in South Africa, including  
the Western Cape and KwaZulu-Natal, Gauteng have had  
limited programs. In the last year the central  
government has started the rollout programs and these  
have been incredibly assisted by funds from President  
Bush's emergency plan for the relief of AIDS. President  
Bush has given six billion dollars for the relief of  
AIDS in Africa, which is really an extraordinarily  
positive thing for the United States, and the global  
fund also is a considerable donor to these rollout  
programs. We now have something like three or four  
million people in Sub-Saharan Africa on antiretroviral  
therapy and it is working, but there are not enough  
people on treatment right now.
- Q. That was my next question: is it possible to assess the  
impact the antiretrovirals are having yet.
- A. Yes, there is some important publications in The Lancet  
and the Journal of the American Medical Association,  
which coincided with the World AIDS Conference that was  
held in Toronto Canada in August of last year and these  
studies of looking at thousands of people on treatment  
identified that the death rates of the people on  
treatment had dramatically, dramatically declined. And  
the death rates unfortunately are not at the levels that  
we see - the improvement in outcome is not at the levels  
we see in the developed world and that is unfortunately  
because of access to people in poor countries, they tend  
to come in very late and very sick and don't access  
treatment early enough, and sometimes, as in any  
overwhelming illness, even antiretrovirals can't help  
them.
- Q. I would like now for you to comment on the approach of  
attempting to come up with some sort of mathematical

- equation to work out how many acts of intercourse would  
be required before someone is at risk of contracting  
HIV. I think you know what I mean by that; a process  
using a study and coming up with a statistical figure  
and then attempting to fix the number of sexual acts  
required before a person is at risk of becoming HIV  
positive.
- A. That is a difficult thing to do. I am not an  
epidemiologist, I'm a clinical scientist, but I think  
Professor John Carter, who I believe is one of your  
other expert witnesses, will be able to address that,  
but essentially people have looked at cohorts of people  
at risk, whether they are an injecting drug-user or  
heterosexual men and women, or homosexual men and tried  
to come up with a rate, an average rate of infection  
according to the number of exposures. Now, as for any  
sexually transmissible infection, HIV obeys the rules,  
in that sexual transmission from male to male is much  
more efficient than male to female, which is more  
efficient than from female to male, and the rates that  
are quoted reflect that hierarchy.
- Q. In your vast experience, can people become HIV positive  
through just one sexual contact.
- A. Yes, I have - I mean, I care for about four or five  
hundred HIV infected people at any one time. I've  
probably cared for two and a half thousand HIV infected  
people over my career, and it is a pleasure to take care  
of these people and, you know, we get to know each other  
and we get to hear their stories, and it is  
extraordinary the number of patients I've had that have  
been infected on their first sexual exposure, even on  
occasion on their sexual debut.
- Q. I want to turn to ask you some questions about some of  
the defence witnesses in this trial. Firstly, are you  
aware of a group of people who are referred to as 'the  
Perth group'.
- A. Yes, indeed I am.
- Q. Are you aware of a person by the name of Eleni



Papadopoulos-Eleopoulos. 1

A. Yes, I'm aware of her involvement in this case and some 2  
of the things that she said over the years, yes. 3

Q. Have you ever met her. 4

A. No, I haven't. 5

Q. Are you aware of a Dr Val Turner. 6

A. I'm only aware of Dr Turner from the correspondence 7  
around this case. I've never actually met him. I guess 8  
that Ms Papadopoulos-Eleopoulos is the sort of flagstaff 9  
of this group, so that is who I know the most, or have 10  
heard about the most. 11

Q. How is the group regarded in the scientific community in 12  
Australia. 13

A. Well, the group is regarded as not having any scientific 14  
credibility and we believe in the scientific community 15  
that their statements are wrong, mischievous and 16  
harmful. 17

Q. Are the views that they are expressing, and have been 18  
expressing in this court, part of any legitimate 19  
scientific debate that is going on. 20

A. I would say no. I've read some of the transcripts and I 21  
can't see anything in the points that they raise that is 22  
of any scientific validity or is even worth testing by 23  
scientific hypothesis. It seems to me, from reading 24  
some of the transcripts, that they're always referring 25  
to exceptions rather than rules, and sort of very rare 26  
exceptions, which are sort of beaten up into evidence 27  
that HIV doesn't cause AIDS. And this is, in my view, 28  
is a tragedy for all the work that we have achieved in 29  
this epidemic in Australia in trying to prevent people 30  
from becoming infected and all the successes we've had. 31  
I think it's very sad for, you know, for all the people 32  
in the developing world that we're starting to be able 33  
to help who might, with these views, start thinking that 34  
they're not going to get sick. 35

Q. Are you aware that a comment about a paradoxical outcome 36  
has been attributed to you during the course of the 37  
evidence in this matter. 38

A. Yes, I was aware of that, so I was invited to comment on a very nice paper from colleagues in Europe led by a group at the University of Bristow, very respected epidemiological group at the University of Bristow in the UK, and they submitted a very nice publication to this World AIDS Conference edition of The Lancet, looking at the outcomes of HIV infected persons in Europe, and what they noted is that there has been a dramatic decline in death rate in HIV infected persons in Europe over the - since highly active retroantiviral therapy has been introduced, but that death rate has been seen to plateau and seen to increase a little bit slightly. When you look at the data, it is clear - and this is what I commented on in my editorial, and it was also referred to by the authors - that this reflects some of the changes in the epidemic in Europe in recent years. So Europe is faced with a lot of immigrant populations who seek asylum in various countries in Europe, people from Anglophone Africa arriving at London Heathrow airport and seeking asylum, people from Francophone Africa arriving in Paris, people from North Africa coming to Spain or Italy, and these people, some of them are HIV infected, and that's why they seek asylum and seek treatment through the socialised health care systems in member states in the European Union. The problem is that, like with all sick immigrant populations, they have tuberculosis. The currently have tuberculosis and they often arrive very late in Europe because they've realised that they're sick in their own countries and they can't access treatment. And so what happens to these people is that they often do very poorly compared to the citizens, the average citizens of the United Kingdom, or France, or Spain. These people, there are increasing numbers of these people in Europe and because there's increasing numbers, it has affected the figures by this sort of slight increase in the death rate, and particularly the tuberculosis rate, which is an AIDS defining illness in recent years. So that's

- what I was referring to about paradoxical. 1
- Q. Was there anything in that study or article that 2  
supports the suggestion the antiretroviral medication 3  
doesn't work. 4
- A. Absolutely nothing in that study that suggested that the 5  
medication wasn't working. They clearly showed that the 6  
death rate from 1996 onwards had decreased in the way 7  
that numerous cohorts around the world have shown, and 8  
they did not attribute that change in the death rate to 9  
any toxicity, it is simply due to unfortunately people 10  
accessing treatment too late. 11
- Q. I had better make sure that we are talking about the 12  
same statement. Can I just see P 18. The article that 13  
you have been referring to, is it an article entitled 14  
'HIV Treatment Response and Prognosis in Europe and 15  
North America in the First Decade of Highly Active 16  
Antiretroviral Therapy: A Collaborative Analysis'. 17
- A. Is it The Lancet of August? 18
- Q. Yes, August 2006. 19
- A. Who is the first author on that? 20
- Q. The first author is M. Egger. 21
- A. Matisse Egger, yes, that's correct. So when these very 22  
large studies are published in major medical journals, 23  
the journals sometimes call for an editorial comment and 24  
they ask experts who are not involved in the study to 25  
write an editorial and my colleague, Greg Daw and I, 26  
wrote an editorial based on that paper for an edition of 27  
The Lancet. 28
- Q. Another study that has a mention in this hearing is a 29  
study that has been referred to as the 'Rodriguez 30  
Study'. 31
- A. Right. 32
- Q. Are you aware of that particular study. 33
- A. Yes, indeed I am. 34
- Q. Could you just tell us about your understanding of what 35  
that study was about and what the results showed. 36
- A. Right, so, I have to take you back one step and that is 37  
that in the mid to late '90s, there was a very important 38

cohort in the United States called - or two important 1  
cohorts called Max and Wise: Max is a cohort of several 2  
thousand homosexual men in several major cities of the 3  
United States; Wise is a cohort of similar numbers of 4  
heterosexual women, particularly minority women, black 5  
and Hispanic women in the United States, and they 6  
followed that cohort over many years and they provided a 7  
lot of information about outcomes of people with HIV. 8  
These were the first two cohorts which showed a 9  
relationship between viral load and outcome. So if you 10  
had a high viral load, your disease progressed faster 11  
than if you had a low viral load, and that was generally 12  
very well accepted by the HIV research community. This 13  
Rodriguez paper analysed - but one of the things that 14  
has concerned people is that not everybody with a high 15  
viral load automatically progresses very, you know, 16  
fast, and there are some people indeed with low viral 17  
loads that progress quite rapidly. So this study by 18  
Rodriguez is an attempt to sort of explain some of that 19  
diversity, and what they show is that viral load is not 20  
the only factor in their work that explains the 21  
progression of disease and the CD4 cell decline. 22  
Although they don't explain what the other factors could 23  
be, I think that it is tantalising to suggest that we 24  
should be looking for other factors that the immune 25  
system affects - sorry, that the virus affects within 26  
the immune system which might contribute to that CD4 27  
decline. So it is a hypothesis and it doesn't discount 28  
the well known relationship between viral load and 29  
outcome. 30

Q. When you say it is 'tantalising' to now look for other 31  
factors, what sort of things do you have in mind, or 32  
would that be speculation at this stage. 33

A. I think one of the exciting things that people are 34  
looking at right now is the genetic susceptibility to 35  
the virus. It's well known, for example, that there are 36  
genes that affect outcome of infection with malaria. 37  
There is good evidence that survivors of the bubonic 38

plague in the later middle ages had a genetic advantage  
by having some different genes to other people, and this  
is a very hot area of research, suggesting that there  
are in our genes genetic diversity which allows some  
people to not have a bad outcome with this virus,  
whereas other people seem to progress - with other genes  
some people progress quite fast. This is very  
important, of course, in trying to identify what would  
be the best components of an HIV vaccine. So these are  
one of the factors that are being actively pursued right  
now, and there is a lot of evidence that there are at  
least 10 or 20 genes which can contribute to a fast or  
slow progression.

CONTINUED

- Q. Again, just to make sure that we're talking about the  
same study, is the study that you have been referring to  
entitled 'Predictive value of plasma HIV RNA level on  
rate of CD4 T cell decline in untreated HIV infection'.
- A. Yes, that is the one that was published in JAMA, the  
Journal of the American Medical Association. I think  
the last author is Lederman.
- Q. The last one is Lederman and the first one is Rodriguez.
- A. Correct.
- Q. What do you say to any suggestion that this article is  
support for the proposition that HIV does not cause  
death.
- A. I think that the article is by no means suggesting that.  
It is suggesting that HIV may cause disease in other  
ways than just the amount of the virus and that is  
perfectly consistent with many other infectious diseases  
and past responses. Not everybody - in any pandemic,  
and every epidemic, not everybody is wiped out. Some  
people survive and they survive probably because of some  
protective factors in their genes.
- Q. I want to turn to the question of transmission of the  
virus by a mother to a child. Is that one area which  
there have been great developments in the western world  
through the use of antiretroviral medication.
- A. Yes, this is one of the triumphs of antiretroviral  
therapies. Prior to the availability of antiretroviral  
therapy, mother to child transmission was around 20-25%  
and mainly occurred in the last trimester of pregnancy  
during child birth and with breast feeding. We were one  
of the first groups in the world, with my colleague,  
John Zeller, to document transmission of this virus.  
Since antiretroviral therapy has been available, all  
women with HIV infection in pregnancy are highly  
recommended to take antiretroviral therapy to render the  
viral load below detection in their blood and genital  
tracts and that has had a dramatic outcome, in that we  
just almost never see HIV-infected children any more in  
the developed world. The only time we do see it is in

the sort of immigrant populations I was referring to in  
that other paper, in the Lancet, of immigrants who come  
to another country, don't realise they're HIV-infected,  
and deliver, without the knowledge of HIV infection  
which is a real tragedy. Paediatric HIV in the  
developed world has essentially disappeared over the  
last five years.

Q. You just mentioned, as part of that answer, that you and  
your colleague were the first to document breast milk  
transmission. What did that involve.

A. What that involved was some work in the early days of  
transfusion, transfusion prior to 1985, when the blood  
was screened and we identified a woman who was  
transfused for post part of haemorrhage; in other words,  
she bled after delivery of the child, so that she could  
not have transmitted the virus to the child during  
pregnancy or delivery, however, it subsequently turned  
out that that child was HIV-infected and the only  
hypothesis was that that child must have been infected  
by breast feeding, which this woman did, as is, of  
course, normal practice. That description led to an  
enormous amount of subsequent work, showing that there  
was HIV in the breast milk, showing that the immature  
gastrointestinal tract of an infant could absorb the HIV  
virus and leading to change in policy at the World  
Health Organisation, where a woman could safely bottle  
feed in the developing world: in other words, access to  
clean water for boiling, that this should be a  
recommendation for such women.

Q. In the developing world, a massive change of  
recommending breast feeding to, if possible, using a  
formula.

A. It is a dramatic thing. The recommendation is only if  
it is safe for the woman to do so, so only if the woman  
can safely bottle feed a sterilised formula. Now, a lot  
of the research in the developing world, on  
mother-to-child transmission, is concentrating on how we  
can prevent breast milk transmission without

interrupting that very important part of mother-to-child development. 1  
2  
Q. You have just mentioned that part of this process, in terms of documenting the breast milk transmission, was showing that HIV was present in the breast milk; how did you do that. 3  
4  
5  
6  
A. I'm sorry if I misled you there. I didn't do it. What I'm saying is because of that work identifying that case, the scientific community then started looking at breast milk and showing that there was indeed HIV in breast milk. 7  
8  
9  
10  
11  
Q. Though you yourself didn't do it, other members of the scientific community did it. 12  
13  
A. Right, correct. 14  
+CROSS-EXAMINATION BY MR BORICK 15  
Q. I want to ask you some questions about what you have told us today and then I want to go back to your report you have handed in; all right. 16  
17  
18  
A. Sure. 19  
Q. His Honour asked you the important question 'Has the virus been isolating'; remember that. 20  
21  
A. Yes. 22  
Q. You said there were a number of ways to isolate it. 23  
A. That's correct, yes. Different laboratories have different approaches. 24  
25  
Q. What are the other ways in which it is isolated. 26  
A. The usual method of isolation is called viral co-culture, where you take the cells from the person who is HIV-infected, stimulate them to divide, and culture them with fresh uninfected cells and those cells then start producing virus. You then maintain that virus, usually on replicating cell lines. 27  
28  
29  
30  
31  
32  
Q. What do you mean when you say 'Take cells from a person infected with HIV'. 33  
34  
A. You take blood, you separate the white cells, particularly the lymphocytes and stimulate them and then culture them with normal uninfected lymphocytes. 35  
36  
37  
Q. Yes, but how do you know that that person's infected 38



with HIV. 1

A. You find a virus in that culture supernode and you 2  
 identify that virus by various techniques and that 3  
 includes standard microscopic techniques of 4  
 electromicroscopy. You can do it by reverse 5  
 transcriptase and you can do it by molecular techniques 6  
 of identifying the virus. They all pose legitimate 7  
 read-outs for the presence of the virus. 8

Q. You have to do all of that before you can say that the 9  
 cells are infected with HIV - that the virus exists in 10  
 the cell. 11

A. No. You don't do that with every person because what 12  
 has happened now is that we know the genetic blueprint 13  
 of this virus and, so to show that someone's infected, 14  
 you identify the gene of the virus and that is a much 15  
 more rapid thing to do with the revolutions in molecular 16  
 biology that I talked about before. 17

Q. What is the genetic blueprint of this HIV, of the virus. 18

A. The genetic blueprint is a sequence. 19

Q. You said it is unique, everybody knows what it is. You 20  
 tell us what it is. 21

A. It is a genetic sequence which makes you and me 22  
 different from any other plant or animal or virus or 23  
 bacteria. It is a genetic sequence. 24

OBJECTION: MS MCDONALD OBJECTS 25

MS MCDONALD: Could the witness finish his answers? 26

A. It is a genetic sequence that is basically the 27  
 principles of DNA and molecular biology that every 28  
 organism is unique and has a unique genetic sequence, 29  
 and that unique genetic sequence identifies one 30  
 microorganism from another and it also identifies one 31  
 person from another, which you probably know, in terms 32  
 of DNA evidence in legal matters. It is a very unique 33  
 tool to identify an organism. 34

XXN 35

Q. You referred to the revolution in molecular biological 36  
 techniques; what were you referring to there. 37

A. I was referring to the ability to amplify small amounts 38

of genetic material to manipulate them and sequence them 1  
and this is due to what is called PCR technology, or 2  
polymerise chain reaction. 3

Q. Who founded PCR. 4

A. One of the AIDS denialists. He won the Noble Prize for 5  
it. I can't remember his name. It escapes me right 6  
now. He won a Noble Prize for that discovery. 7

Q. Can you remember what he had to say about the use of his 8  
techniques for the diagnosis of HIV. 9

A. No, I can't remember it. 10

Q. Can't remember it or don't want to remember it. 11

A. Sorry, I just simply can't recall what he said because 12  
it is just wrong. 13

Q. If you can't remember what he said, how can you say it 14  
is wrong. 15

A. Because it is just simply wrong. If you tell me what he 16  
said, perhaps I can help you but I can't recall exactly 17  
what he said about it, but it is definitely dismissed in 18  
the overall scientific community. 19

Q. I will come back to that a bit later. You referred to 20  
the fact that there are many, many pictures of the 21  
virus; do you recall that. 22

A. Yes. 23

Q. Produce one. Can you produce one. 24

A. I can refer you to publications of them but I haven't 25  
got one now. The other expert witnesses have indicated 26  
those that are available. 27

Q. My precise question is can you - 28

A. They're on the front of every textbook of virology. 29

Q. They are not. Can you produce one. 30

A. I haven't got one. 31

Q. One actual paragraph. 32

A. There are tonnes of photographs of it in the scientific 33  
literature. 34

Q. Yes, or no: can you produce one paragraph. 35

A. I haven't got one with me. I would be very happy to 36  
send you one. 37

Q. We will look forward to it, thank you. You have 38

- referred to the ELISA and the Western blot tests and I  
don't quite understand what you're saying about them.  
Are you saying that the ELISA, for example, is a  
specific diagnostic test for HIV.
- A. Indeed it is. It is 99.9% sensitive and 99.9% specific  
which means if it is positive, it is almost certain that  
you're infected and, if it is negative, it is almost  
certain that you're not.
- Q. If that is the case, why do we bother with the Western  
blot or nucleic acid testing, or any other testing if it  
is so specific.
- A. We don't always rely on that. In some settings we just  
use two ELISA's with different platforms and that is  
enough. It is a public health choice. In the  
developing world, for example, it is not really  
necessary because the prevalence of HIV infection is so  
high that ELISA testing is the most cost-effective. In  
the developed world we like to exclude very rare events  
and so we'll do Western blot testing.
- Q. You can be HIV-positive in Papua New Guinea but not in  
Australia.
- A. No, that is not true. It is a public health fund and  
cost benefit analysis which allows you to do that.  
Unfortunately, Papua New Guinea doesn't have enough  
money to have the standard medicine that we do, I wish  
it would.
- Q. In Papua New Guinea you can be diagnosed positive or  
found to be positive on one ELISA test, can't you.
- A. I'm not sure of the recommendation. Most developing - I  
don't know specific PNG, but in most developing  
countries it is two different ELISAs.
- Q. What do you need for a positive result in Australia.
- A. You confirm it with a Western blot, it is normal  
practice.
- Q. You say do one ELISA, positive, confirmed by one Western  
blot.
- A. We usually do two ELISAs and a Western blot is our  
particular laboratory algorithm.

Q. Why do you do two ELISAs. 1

A. Because, as I said before, this is not a great diagnosis 2  
to have, for all the reasons that I have explained, and 3  
we like to be - we're fortunate in our society that we 4  
are able to afford the best diagnostic technology. We 5  
go out of our way to make sure that it is really 6  
positive. 7

HIS HONOUR 8

Q. Is it your position that one ELISA positive test, in 9  
your view, is 99.9% accurate and the reason for doing 10  
two and/or a Western blot - 11

A. Yes - no, I think that that quota is for two different 12  
platform ELISAs. I think it would probably be - for one 13  
ELISA it would probably be around - a bit over 99. I 14  
think the second ELISA gets you very close to 100. 15

Q. Your view is that if you test positive on one ELISA, it 16  
is somewhere around about 99% certain that that test is 17  
positive. 18

A. It does depend on the population. If you have a 19  
population that you're testing in which there are many 20  
HIV-infected persons, then the chances of having a false 21  
positive ELISA are very low. If, however, you have a 22  
low-risk population, such as blood donors, where you 23  
have to make an exclusion declaration and so forth - and 24  
it is very rare to find an HIV-infected person these 25  
days amongst blood donors in Australia - it is more 26  
common to get a false positive ELISA. It depends on the 27  
population you're testing. 28

Q. That is a mathematical question; is that correct. 29

A. Yes, indeed. 30

XXN 31

Q. Why does it depend upon the population, because the 32  
population test is different to the specificity test, 33  
isn't it. If it is 99.9% specific, that's it, it has 34  
nothing to do with the population, has it. 35

A. Yes, that is absolutely correct. In a low-risk 36  
population you're going to see more false positives than 37  
in a high-risk population, as a percentage. 38

Q. I'm saying population has got nothing to do with it and I'll give you an example. Assume, would you, that there is 1 in 1,000 people in Australia with HIV; okay.

A. Yes.

Q. We accept 99.9% specificity which is 1 in 1,000.

A. Right.

Q. Put those two together, 1 in 1,000 people have found to be positive, but there's an error rate of 1 in 1,000, so that leads to a 50-50 chance of being a false positive, doesn't it, on those figures.

A. I'm not really sure about your logic there. I think you should probably question Professor Elizabeth Dax, who is the chief of the National Reference Lab and she can give you the figures of the rates of false positives in the Australian population.

Q. If it is any consolation to you professor, it took me two hours to get my head around that. I'm doing the best I can with it. You have referred to the Rodriguez study.

A. Yes.

Q. That was a study that occurred in Europe and North America.

A. I think so.

Q. It is here, that HIV treatment response and prognosis, in Europe and North America.

A. That is not the Rodriguez one, is it? That's the RCC collaboration.

Q. You're quite right, P18 I'm referring to. Their interpretation of the study was that 'the virological response, after studying HAART, improved over the years but such improvement has not translated to a decrease in mortality'. That is their interpretation. You'll accept that, will you.

A. Yes.

CONTINUED

- Q. My understanding is that you regarded that - you used 1  
the word paradox - but you explained it by saying that 2  
so many large numbers of people are migrating into 3  
Europe and North America and that could explain it. 4
- A. Correct. 5
- Q. The data they have got came from 22,217 patients who 6  
were aged 18 years and over, were antiretroviral naive 7  
before starting HAART, and who started therapy between 8  
1995 and 2003. 9
- A. Right. 10
- Q. That doesn't fit in with your proposition, does it. 11
- A. No, I think that they are saying that the mortality is 12  
certainly decreased compared to what it was before 1996. 13  
I think the other thing that's important to mention is 14  
that even with treatment, HIV is a fatal disease. 15  
Survival has improved but some people still continue to 16  
die of this disease. I was trying to explain to you 17  
that I thought my interpretation of the continued death 18  
rate was due to migrating populations into Europe and 19  
the sort of slight increase that they have seen over the 20  
last couple of years, but that it's quite true that 21  
people with HIV do still continue to die, they just 22  
don't die at the rates that they used to. 23
- Q. HIV, by definition, is a virus; that's right. 24
- A. Yes. 25
- Q. What is the disease HIV. 26
- A. Well, we sometimes call it HIV disease or we call it 27  
AIDS. They are the clinical manifestations of HIV 28  
infection. 29
- Q. But that means HIV equals AIDS, is that right. 30
- A. No, not always, because AIDS is simply a state of the 31  
immune system where you're susceptible to various 32  
opportunistic infections, and these infections are a 33  
read out of the parlous state of your immune system, so 34  
people can have HIV and asymptomatic HIV infection; the 35  
problem is that without treatment, they will progress to 36  
AIDS. 37
- Q. But you can have AIDS without HIV; there have been 38

plenty of examples of that, haven't there. 1

A. Can you have AIDS without HIV? 2

Q. Yes. 3

A. No, I don't think so. 4

Q. Take tuberculosis, that's AIDS, isn't it. If you're HIV 5  
positive and you have tuberculosis, that's AIDS. 6

A. That's correct - it's not fully correct, it depends 7  
where the tuberculosis is, but if it's dissemination, 8  
yes, if it's pulmonary tuberculosis, no. 9

Q. I will come back to that in a minute, too, but if you 10  
have tuberculosis in whatever form, if you are HIV 11  
negative, then you have tuberculosis, don't you. 12

A. Yes. 13

Q. So how does it happen that if you have an HIV positive 14  
ELISA test, and you haven't had tuberculosis, you have 15  
AIDS, but if you're negative, you have tuberculosis. 16

A. Sorry, I just can't follow that. So the surveillance 17  
definitions - or the definitions of the diseases which 18  
define AIDS are made in the presence of a positive HIV 19  
test, so in order to have AIDS with tuberculosis you 20  
have to be HIV infected. 21

HIS HONOUR 22

Q. HIV is the fundamental before you can have AIDS. 23

A. Right. 24

Q. If you haven't got HIV, whatever disease you might have, 25  
it's not AIDS. 26

A. If you don't have - there are plenty of people who get 27  
disseminated infections that might be due to other 28  
causes of immune impairment, so people with cancer who 29  
are treated with chemotherapy or radiotherapy get 30  
impaired immune systems, people who are lucky enough to 31  
receive heart or kidney or bone marrow transplants for 32  
serious illnesses sometimes get their immune system 33  
impaired because of the increased need of antirejection 34  
drugs, and those people suffer opportunistic infections 35  
which also occur in people with AIDS, such as 36  
tuberculosis, or cryptococcal diseases, or 37  
leishmaniasis, or a whole host of them, but in order for 38

a person with tuberculosis, or cryptococcal disease, or  
leishmaniasis or whatever, to have AIDS they have to be  
HIV infected.

XXN

Q. That is, have an HIV positive test result.

A. Correct.

Q. So if we were in Papua New Guinea and one ELISA test was  
sufficient and a person had tuberculosis, the person had  
AIDS; if the same person lived in Australia, they would  
have tuberculosis.

A. No, that's just illogical.

Q. It's not illogical.

OBJECTION: MS McDONALD OBJECTS

MS McDONALD: If the witness can finish.

XXN

Q. Please explain.

A. All right. Let me try. If you are HIV infected in  
Australia or Papua New Guinea and you have tuberculosis,  
you have AIDS. If you're not HIV infected, no matter  
where you are around the world and you have  
tuberculosis - which is a common, very common, sadly,  
you know, infectious disease that we're not doing too  
well with either - then you just have tuberculosis.

Q. Take out the words 'HIV infected' and come back to what  
you agreed with when I put it to you. You have got an  
HIV positive result, right.

A. Right.

Q. If you have an HIV positive result in Papua New Guinea  
which is, let's assume, one ELISA test.

A. Let's assume two.

Q. All right, two, and no confirmatory test, all right.

A. Yes, let's do that.

Q. You've got TB - well you've got AIDS, that's Papua New  
Guinea.

A. Correct.

Q. In your laboratory, if you had two ELISA tests positive  
but no confirmatory test, you wouldn't be able to say  
HIV positive, would you.



A. No. 1

Q. So the person coming out of your laboratory would have 2  
tuberculosis and not AIDS. 3

A. No, but we would confirm the HIV positive test before 4  
saying that that person has tuberculosis - has AIDS, 5  
sorry. 6

HIS HONOUR 7

Q. The position is, isn't it - 8

A. Can I just interrupt you? I'm sorry. One of the 9  
important things is also the clinical perspective, all 10  
right, so that, you know, if you've got an HIV positive 11  
test in a young homosexual man or a young injecting drug 12  
user, and they present with tuberculosis, that really 13  
ramps up the chances of them having AIDS. If it's some 14  
lower risk older person from the community, and they 15  
have tuberculosis, then of course the chances of them 16  
having AIDS is much, much less, so it's a clinical 17  
balance as well as the test. 18

Q. I was just going to put the proposition which I think is 19  
obvious, but I just want to confirm it: that different 20  
countries have a different basis upon which you can 21  
arrive at a final diagnosis, and that's a decision 22  
that's made by that particular country depending on its 23  
resources, etc. 24

A. Yes, that's a public health - that is purely a public 25  
health decision. I mean a Western blot costs \$100 so, 26  
you know, spending \$100 on something is a lesser 27  
priority than providing drugs to treat that person's 28  
tuberculosis. 29

XXN 30

Q. You refer to the mother to child transmission, and you 31  
referred to the figure of 25%; in other words, 25% of 32  
mothers can have transmitted HIV to their baby. 33

A. Correct. 34

Q. But you start with the proposition that the mother is 35  
HIV infected first, don't you. 36

A. Yes, indeed. 37

Q. So you've got 100% of infected mothers and 25% of 38

infected babies. 1

A. Correct. 2

Q. Why aren't all babies infected. Why don't you get 100%. 3

A. There is very good data now that that is related to a 4  
number of factors. It's related to the viral load in 5  
the mother; some mothers with very high viral loads are 6  
much more likely to transmit than mothers with very low 7  
viral loads, and similarly in breast milk as well, there 8  
is data for that. It's also related to childbirth and 9  
how traumatic the childbirth is. For example, there is 10  
very good data in twins, in twin births, where the 11  
second twin is much more likely - the twin who is born 12  
second is much more likely to be HIV infected than the 13  
first twin who comes out, and that is simply because the 14  
birth canal is much more traumatised and much more 15  
bloody, so there is all sorts of reasons why some 16  
children are infected and others aren't. 17

HIS HONOUR 18

Q. For the same reason, I suppose, that there are all sorts 19  
of reasons why someone who is having a heterosexual 20  
relationship with an HIV positive male may not 21  
necessarily contract HIV. 22

A. Right. I mean, you know, just as I was saying, I've had 23  
patients who were infected on their sexual debut. I've 24  
got many gay men who are discordant, who remain 25  
discordant, and they have the occasional - they 26  
generally use condoms most of the time, but they have 27  
the usual slip-ups, so yes, it goes both ways. 28

XXN 29

Q. I want to just take you to your report you provided to 30  
the court. You referred first of all to Cox's 31  
postulates. 32

A. Yes. 33

Q. And they are set out at - it's my p.2 of the report. 34

A. Yes. I think a number of the experts refer to Cox's 35  
postulates. 36

Q. Just assume we have had a paper where someone has 37  
conducted a study of Cox's postulates and how they have 38

- changed over the years, but basically in 1878, Cox 1  
published some papers and his first statement had three 2  
postulates and, in 1884, they increased to five, and I 3  
think I can take it they have changed over time. From 4  
where did you get your three postulates, what particular 5  
publication or era. 6
- A. I think it was just from, you know, this is just medical 7  
school days. This is standard, you know, microbiology 8  
101, so I just remembered them as I remembered them but, 9  
you know, the principles are pretty well-known to any 10  
microbiologist or physician. 11
- Q. I can understand that. Immediately after setting out 12  
the three postulates, you said and I quote 'HIV fits all 13  
three of the postulates and, therefore, meets Cox's 14  
postulates'. 15
- A. Right. 16
- Q. Meaning HIV fits all of Cox's postulates, all three of 17  
them, as the cause of AIDS, 18
- A. Right. 19
- Q. You go down a couple of paragraphs to postulate three 20  
and, after you refer to ethical considerations you say 21  
'However, in the absence of the fulfilment of this third 22  
postulate, there exist other postulations which strongly 23  
suggest that the transfer of HIV from an infected host 24  
to an uninfected host causes disease'. Is that not a 25  
contradiction between the statement 'HIV fits all three 26  
of the postulates' to the words 'In the absence of the 27  
fulfilment of the third postulate' followed by a strong 28  
suggestion. 29
- A. Not really. I think that, you know, fulfilling Cox's 30  
postulates, transferring the pathogen from the infected 31  
host causing disease, is something that no research 32  
committee in this country, or indeed probably any other 33  
country in the world, would allow, so we have to have 34  
indirect evidence of that, and I have given you some 35  
good examples, I believe, of the indirect evidence in 36  
the absence of being able to ethically transfer the 37  
virus from one person to another. 38

HIS HONOUR: I think we have fallen onto 1  
'circumstantial evidence' in the legal world, indirect 2  
or circumstantial evidence. 3  
MR BORICK: Now you'll want a discourse on 4  
Chamberlain's case. 5  
XXN 6  
Q. We'll come to the circumstantial evidence in a minute. 7  
Just following on from that, you use the expression 'In 8  
the absence of the fulfilment of the third postulate, 9  
there exist other postulations which strongly suggest', 10  
That's the point I'm making to you; that you're really 11  
saying there the third postulate has not been fulfilled, 12  
but there is a strong suggestion that it may be. That's 13  
what you're really saying, isn't it. 14  
A. Yes, I think that's what I'm saying. If you want me to 15  
say 'very strongly' or whatever, I can, I just can't say 16  
that the postulate is fulfilled because it's unethical 17  
to fulfil it. 18  
MR BORICK: That's going to put a gloss on the 19  
Chamberlain concept of circumstantial evidence. 20  
XXN 21  
Q. In relation to postulate one, you say 'The 22  
epidemiological relationship between exposure to HIV and 23  
AIDS has been demonstrated in numerous different studies 24  
that document that patients with AIDS, regardless of 25  
where they live, are infected with HIV'. That is your 26  
statement. 27  
A. Yes. 28  
Q. What test was used to prove that relationship. 29  
A. Whatever the public health recommendation in the country 30  
where the study was done. 31  
Q. No, but what test - this is your statement - are you 32  
referring to. 33  
A. The evidence for exposure to HIV in the numerous studies 34  
are, if the study was done in the developing world it 35  
would be two ELISA tests on different platforms. If the 36  
study was done in the developed world, it would usually 37  
be two ELISA tests and a positive Western blot. 38

Q. How was the specificity of the test for those pathogens, 1  
how was that determined for each of those tests. 2  
A. The specificity? 3  
Q. Yes. 4  
A. I think you need to question Professor Dax about it. I 5  
mean she's basically spent her life and done an enormous 6  
amount of work nationally and internationally in 7  
documenting that the diagnostic tests for HIV in this 8  
country and around the world are the most sensitive and 9  
specific that they can be, so I would have to say, you 10  
know, consistent with licensed tests. So, like every 11  
diagnostic test in medicine as critical as this, it has 12  
to be licensed by a regulatory agency, which is the 13  
Department of Health in Australia, the TGA, the 14  
Therapeutic Goods Administration, the Food and Drug 15  
Administration in the United States, and the European 16  
Medicines Evaluation in Europe. These are licensed 17  
tests that guarantee a certain level of sensitivity and 18  
specificity. 19

CONTINUED 20

- Q. You postulate to isolation pathogen to AIDS patients. 1  
'Multiple HIV isolates have been cultured from AIDS 2  
patients, the virus has been cultivated and propagated 3  
in human T-lymphocytes, Macrophages and certain immortal 4  
tissue culture cell lines developed for the purpose of 5  
invitro propagation'. The question is: how do you 6  
detect the virus in the culture. 7
- A. The detection methods I think I alluded to before are 8  
several. They include assay reverse transcriptase enzyme 9  
of the virus. They include an antigen test relying on 10  
the specificity relying on the antibody reactions. They 11  
include PCR technology to quantify the virus in those 12  
co-cultures, so all of those are used in my laboratory 13  
at the Centre of Immunology in St Vincent's in Sydney. 14  
We have a freezer full of these virus isolates from 15  
hundreds of virus AIDS patients checked in those ways. 16
- Q. In this context, what do you say is the significance of 17  
the detection of the protein P24. 18
- A. It's a standard methodology. It is a specific test for 19  
the presence of antigenic components of the virus. P24 20  
is part of the core of the virus. It's a very robust 21  
antigen and the technology to detect is cheap and 22  
reliable. 23
- Q. P24 was first discovered by Montagnier in 1993 in 24  
material in which he later admitted contained no 25  
retroviral particles; do you accept that. 26
- A. No, I don't. 27
- Q. That is you don't accept that he made that admission. 28
- A. I think it was a mistake. I think there are numerous 29  
cultures since in which they have P24 antigen and you 30  
can have viral particles there. I think perhaps in his 31  
hands at that time when it was so difficult, you know, 32  
when everyone was struggling to try and isolate this 33  
virus that some anomalies were found and that has not 34  
subsequently happened. 35
- Q. It is your position that the protein P24 is unique to 36  
HIV. 37
- A. Yes, unique. 38

- Q. Do you accept that the protein P24 can be found where there was no HIV, for example in the placentas of healthy women or bile culture blood of negative donors. Do you understand the question.
- A. Yes, I do. So, what you are getting at is issues of what - according to endogenous retroviruses - as we have evolved over generations and generations we may have been infected with different retroviruses over, you know, over the generations and these retroviruses have gone into our DNA and are in fact quite harmless and sometimes they will have, you know, they can activate the genome to produce this P24 in very low levels. The issue which I think you are missing is that, the fact that this P24 antigen is specific to HIV so - and just, I was saying before, every organism has a unique genetic footprint, blueprint. The P24 antigen of HIV is unique protein.
- Q. You are saying it is specific or unique to HIV.
- A. The P24?
- Q. P24.
- A. Right, but I mean, you know, you look - you know, you look like your brother. You know, you may look like your brother, sister or parent or sibling but your generic material is slightly different. In a court of law we can prove that your hair is different from your sister's or your father's hair. Now, you know retroviruses are families. They are families of viruses. You know dominion evolution has allowed different organisms to evolve over time and there are some unique features of living organisms which have common structure to allow them to reproduce and survive. So that there are different retroviruses and P24 is one of the components of retroviruses which allow them to be retroviruses. The issue is that the HIV P24, just like you're different from your sister's hair is different from some other retrovirus and that can be detected antigenically or it can be detected genetically.
- Q. I'm going to ask his Honour to adjourn for a few minutes

to enable me to take some instructions. What's your  
time frame.  
A. You know, I'm yours for however long you want me this  
afternoon.  
HIS HONOUR  
Q. That's an invitation I wouldn't make to counsel.  
A. That's up to his Honour of course but unfortunately I'm  
only available today.  
Q. What I'm going to do is adjourn for about 10 minutes, so  
that will give you a break as well.  
A. Thank you so much.  
Q. If we could resume in 10 minutes would that be  
convenient? I'm asking you if that would be convenient  
to you.  
A. Yes.  
Q. We are going to hang up and we will get you back in 10  
minutes time, approximately.  
A. Okay, thank you.  
ADJOURNED 4.00 P.M.  
RESUMING 4.20 P.M.  
HIS HONOUR  
Q. Can you hear me; hello.  
A. Yes, I can.  
MR BORICK: I will just mention this briefly to  
Ms McDonald and the prosecutor - there are two  
prosecutors - I have some questions that I want to put  
to the Professor now. I haven't got a transcript of  
what went before. What I have got in mind, if my friend  
has a look at them, I prepared some written questions  
that he can then respond to. Would there be any trouble  
with that, if the parties agree to it?  
HIS HONOUR: If the parties are agreed to it and  
Professor Cooper is prepared to do it, the answer is I'm  
prepared to do it on that basis. This is an application  
for leave, it is not a trial.  
MR BORICK: Yes.  
HIS HONOUR: Ms McDonald, do you have any problem with  
that?



MS McDONALD: I don't have a problem, in principle, so long as it is a sensible limit. 1  
2  
HIS HONOUR 3  
Q. Professor Cooper, did you hear the exchange that we just had. 4  
5  
A. Yes I think so, you want me to respond to some written questions. 6  
7  
Q. Yes but they are put to you - the prosecutor will have a look at them and I will have a look at them to ensure that you are not flooded with a series of questions. Is that course acceptable to you. 8  
9  
10  
11  
A. Thank you your Honour, that's fine. 12  
XXN 13  
Q. You said early today that once the virus is purified then you sequenced the genes; do you remember saying that. 14  
15  
16  
A. Yes. 17  
Q. Would you be able to provide us with any papers or studies which demonstrate the purification of HIV particles. 18  
19  
20  
A. So again I'm not, you know, a card-carrying laboratory virologist. It is something that you should ask one of the other expert witnesses, Dr Dominic Dwyer. You purify viruses by gradient centrifugation - by splitting very hygiene - I would defer this to expert witnesses like Dr Dominic Dwyer for that. 21  
22  
23  
24  
25  
26  
Q. What I was actually asking was: whether you could provide us with any papers that demonstrate the proof of purification of HIV proteins or would you like to leave that to one of the other experts. 27  
28  
29  
30  
A. I thought your question was HIV viral particles. 31  
Q. It was. HIV particles. 32  
A. Yes. So yes, I mean, there are standard laboratory techniques for purification of viral particles and I prefer you would address that to, you know, the experts in laboratory virology like Dominic Dwyer. 33  
34  
35  
36  
Q. You referred to the gene bank; do you remember that. 37  
A. Yes. 38

Q. Are you referring to the gene bank in the Los Alamos laboratory. 1 2

A. Yes, that's one of the major gene banks around the world. 3 4

Q. Is that the one that you were referring to. 5

A. Yes, I was yes. 6

Q. Are you aware that the custodian of those sequences is Dr Brian Foley. 7 8

A. No, I don't know who the custodian is. I know that they are held at Los Alamos and very special sequences where we have publications where we submitted those sequences to Los Alamos. 9 10 11 12

Q. Are you aware that there has been a recent intensive debate in the British medical journal, on loan, between Dr Foley and the Perth group, members of the Perth group. 13 14 15 16

A. No, I'm not aware of that. 17

Q. I have to provide you with a transcript, but would you be aware that Foley has admitted that what is called 'HIV genome' is a Tly(a)RNA which originated from material which was not purified. 18 19 20 21

A. No, I'm not aware of that. What I'm aware of is that when you - I have several publications and there's numerous other publications in the literature when you isolate special sub-types of the virus which might have special genetic signatures, the journal will not publish your article unless you submit that sequence to gene banks so that it is publicly available for other scientists to look at and analyse. 22 23 24 25 26 27 28 29

Q. When I was putting some questions to you about the first postulate, there was some discussion about whether you use one or two ELISAs; do you recall that. 30 31 32

A. Yes. 33

Q. In that context, are you aware that the Mandela study, that's the Nelson Mandela study from which the figure - there are five million South Africans infected - that study was based upon one ELISA and the ELISA test kit which they used in that study is not licensed in 34 35 36 37 38

- Australia; were you aware of that. 1
- A. No, I'm not aware of that, but I think it's important to 2  
go back to the, you know, the public health issue that 3  
where you have - where you have a very high prevalence 4  
of HIV; in other words, up to, you know, 40% of the 5  
population or in some ante-natal clinics - for example, 6  
in Johannesburg where, you know, 40 to 50% of the 7  
pregnant women are infected, then even if you do one 8  
ELISA test, the chances of having a false positive in 9  
such a population are extraordinarily low. 10
- Q. The other point that I was making in that question is 11  
that the test kit used in that study is not licensed in 12  
Australia. 13
- A. Well that I don't know. I have colleagues in South 14  
Africa who have surveyed their populations and they use 15  
reliable assays. So, for example, I'm involved as an 16  
advisor to the national institutes of health for a 17  
project that they are undertaking with the South African 18  
defence force where they are treating enlisted men and 19  
women in the South African defence force who have 20  
HIV/AIDS and I can assure you that the testing that the 21  
NIH would have done in the South African defence force, 22  
where they have hundreds to thousands of infected 23  
service men and women, would be an FDA licensed test. 24
- Q. Now, the next question relates to a document called P18 25  
which is the document 'HIV Treatment and Response and 26  
Prognosis in Europe and North America'. Do you know the 27  
document that I mean. 28
- A. Yes, I know of it. 29
- Q. For convenience, could we refer to that being the MAY 30  
study; the reason being that correspondence should be 31  
addressed to MAY; all right. 32
- A. Correct, yes. 33
- Q. I just want to clarify something here. I read out to 34  
you the interpretation just as it appears in the paper, 35  
but is the paradox that you referred to this: that 36  
although the May study shows that there was a reduction 37  
in the viral load over time, it was not accompanied by a 38

reduction in the death rate'. Is that the paradox. 1  
A. Yes, if that's what I wrote, yes that's it. 2  
Q. In relation to tuberculosis you said that only multiple 3  
TB is an AIDS-defining disease; is that right. 4  
A. I'm sorry I missed that. 5  
Q. I'm sorry I had my head down. I think you said that in 6  
relation to TB, only multiple TB is an AIDS-defining 7  
disease. 8  
A. I mean, disseminated tuberculosis is distinct from 9  
pulmonary tuberculosis so, generally, clinicians working 10  
in HIV medicine distinguish between pulmonary and extra 11  
pulmonary tuberculosis, so extra pulmonary tuberculosis 12  
has - it is much more likely to be associated with a 13  
more severely impaired immune system than pulmonary 14  
tuberculosis. 15

CONTINUED 16

Q. You aware that since 1993 in Australia, TB found  
anywhere in the body, including in the lungs, is an AIDS  
defining disease.

A. No, that is not correct. It's an AIDS defining disease  
if you have HIV infection.

Q. You said that reverse transcription in culture is proof  
of isolation, is that right.

A. Yes.

Q. Is reverse transcription specific for a retrovirus.

A. Only retroviruses can have the reverse transcription  
enzyme, that's correct.

Q. So it is specific to a retrovirus.

A. Yes.

Q. Just on that topic, are you aware that one of the  
discoverers of reverse transcription, Professor  
Baltimore, says that 50% of our DNA is obtained by  
reverse transcription.

A. I don't know what the context of that is. Usually DNA  
synthesis is by a process which resembles reverse  
transcription, which is done by an enzyme called DNA  
polymerase.

Q. That is probably one of the matters where I will be more  
specific in a written query to you.

A. Sure.

Q. The next two, I will just put them to you now and then  
provide you with a little more information. You  
referred to the observation that laboratory or health  
care workers may become infected with HIV on the basis  
of accidents that exposes them to the virus. Such  
workers became HIV positive following the event of these  
risk factors of infection. Do you have any figures or  
studies to support that proposition or observation.

A. Unfortunately we had a health care worker some years ago  
in our service at St Vincent Hospital who became  
infected exactly in that way, unfortunately. She was  
working with AIDS patients and underwent a needle stick,  
an accidental needle stick injury and sero-converted,  
and, in my view, she had no other risk factors. So



- workers there are in Australia. 1
- A. No, but I wish there were more. I'm not sure of the 2  
exact numbers, but thousands, I would suspect. 3
- Q. Do you have any figures as to how many of the laboratory 4  
or health care workers may belong to AIDS risk groups 5  
such as drug users or who are gay men. 6
- A. There are certain industries in which there is an 7  
overrepresentation of the traditional HIV risk groups in 8  
an industry, and the health care industry is not exempt 9  
from that, and the situation is even worse in Africa, 10  
where the rates in some health care settings amongst 11  
health care workers are even higher than in the general 12  
population and reflect what you are referring to. But 13  
it just depends on the country. Yes, that is correct, 14  
but there are certainly situations in which it is quite 15  
clear that even a health care worker from a risk group 16  
has been infected from that particular needle stick 17  
injury and not by other means of transmission. 18
- Q. You understand what I am really putting to you here; I'm 19  
saying that your observation which is marked point A in 20  
your report, that is relating to laboratory health care 21  
workers, cannot assist you to fulfil or to argue that 22  
Koch's third postulate is fulfilled. Do you understand 23  
that is what I am putting to you. 24
- A. Yes, I understand what you are trying to do. I just 25  
have to say to you that there are very clear cut 26  
documented cases of health care workers who have had 27  
needle stick transmission from an HIV infected patient 28  
to them by a needle stick accident. That has been 29  
proved by genetic analysis of the virus isolates from 30  
the person to the health care worker. 31
- Q. Can you provide some documentation. 32
- A. Yes, I think I could. I think I could, it would be a 33  
bit of a search in the literature, but there are 34  
examples of that. The best example, of course, is the 35  
other way round, is the Florida dentist. 36
- Q. I am about to come to that. You have no doubt heard of 37  
Harrison's Internal Medical Textbook. 38

A. Yes, I have. 1

Q. It's the Bible, isn't it, in a sense. 2

A. One of them, yes. 3

Q. And you have no doubt heard of Dr Faucci. 4

A. Yes. 5

Q. Do you realise that in that textbook Dr Faucci talks 6  
about the Florida dentist case and he says 'To this day 7  
that case remains controversial', are you aware of that. 8

A. Yes, I am aware of that. 9

Q. It is a pretty significant statement about the Florida 10  
dentist case, it is a very controversial matter as to 11  
whether the dentist passed it on to the patient, isn't 12  
it, for a variety of reasons. 13

A. Yes, I understand that it is. I understand it is 14  
controversial. It was my understanding that the virus 15  
isolates amongst the dentist and his infected patients 16  
were again consistent. There is a similar case within 17  
Australia in which a surgeon in Sydney infected several 18  
patients that underwent minor procedures, and again in 19  
that setting, the virus isolates in the contaminated 20  
equipment from the index patient were the same as in the 21  
subsequent patients in that list on that day. 22

Q. Is that documented anywhere, that case. 23

A. Yes, very, very well documented. It's a publication in 24  
The Lancet some years ago. And indeed the genetic 25  
evidence was used to prove that the surgeon had been, 26  
sadly, at fault. 27

Q. P.3 of your report at point E, you refer to simian 28  
immunodeficiency virus called SIV, S-I-V, and you argue 29  
that the fact that these SIV strains, as you say, caused 30  
AIDS in monkeys provided an animal model fulfilment of 31  
Koch's transmission third postulate, which is the 32  
transfer of the pathogen to an uninfected host causes 33  
disease. My proposition to you is that it is completely 34  
invalid to use SIV as though it were HIV for the purpose 35  
of arguing that the third postulate has been fulfilled. 36

A. It is a different organism, it is a different organism, 37  
but animal models have been used extensively in AIDS 38



research and we know that the HIV virus evolved from 1  
simian viruses, so we know exactly where and when that 2  
happened, so it is not unreasonable to use those simian 3  
virus models to prove aspects of HIV transmission. 4  
Q. My proposition to you is: it is totally invalid to use 5  
it. Do you understand what I'm putting to you. 6  
A. I disagree with that. 7  
Q. You disagree, yes, I understand. 8  
MR BORICK: That completes what I want to put this 9  
afternoon, with the proviso of the written material. 10  
HIS HONOUR: When do you think you will be in a 11  
position to put your written material? 12  
MR BORICK: I would like to have it ready by Monday. 13  
HIS HONOUR 14  
Q. Are you in Australia for the next week or two. 15  
A. I am going to Thailand next Wednesday working on our 16  
project there in Thailand on treatment. 17  
Q. How long will you be away. 18  
A. Be away from Wednesday to Sunday next week. 19  
Q. So you will only be away for a relatively short time. 20  
A. Indeed. 21  
Q. So if the questions are sent to you early next week, 22  
would you be in a position to respond, say, within a 23  
week to ten days. 24  
A. Yes, I should be able to do that. 25  
Q. We will arrange for any further questions to be 26  
submitted to you. 27  
A. Thank you, your Honour. 28  
Q. When you're answering them, can I just remind you - I 29  
hope you don't mind me doing this - but you are still 30  
under oath. So any answer indeed will be answers given 31  
under oath. 32  
CONTINUED 33  
34  
35  
36  
37  
38

+RE-EXAMINATION BY MS McDONALD 1

Q. During the course of your evidence you have talked about 2  
using two ELISA tests and using different platforms, 3  
what do you mean by that expression 'different 4  
platforms'. 5

A. By different platforms I mean using - I guess it is hard 6  
to explain simply, it is the configuration of the assay 7  
and which antigens you use and which antibodies you use 8  
and how they react with each other and how they read 9  
out. Generally you try to use an antibody in the second 10  
ELISA which targets a different antibody in the region. 11  
Or you might use a viral other than the first ELISA or 12  
the second ELISA. 13

Q. The second and final matter I wanted to us ask you 14  
about, this case in Sydney in relation to the surgeon 15  
who infected patients. 16

A. Right. 17

Q. You told us that case is very well documented, was it 18  
also in fact very well investigated at the time. 19

A. Extremely well investigated. Just to be quite clear, 20  
the surgeon was not infected but through his surgical 21  
practices, probably reusing local anaesthetic vials they 22  
were contaminated by the first patient who happened to 23  
be HIV infected and then by reusing the local 24  
anaesthetic vials on subsequent patients they became 25  
infected. I think Dr Dwyer actually did the work on the 26  
sequencing and he will be able to tell you how those 27  
sequences were identical through the index person and 28  
the subsequent unfortunate people who were infected in 29  
that way. 30

Q. How many people were infected. 31

A. I think that there were four or five, something like 32  
that. 33

Q. Was that then the subject of a special inquiry by the 34  
Medical Board of the New South Wales Health Department. 35

A. Yes, it was. 36

Q. Obviously there are ramifications - 37

A. There should be a report on that somewhere, it was very 38

well-known at the time, and I believe the transmission  
report was published in the Allianz a couple of years  
after the event.

HIS HONOUR

Q. That concludes your evidence at this stage.

WITNESS STANDS DOWN

+THE WITNESS WITHDREW

CLOSED-CIRCUIT TELEVISION DEACTIVATED

MR BORICK: I should be here by a 20 to 10 tomorrow.

HIS HONOUR: I will list it for 9.40.

MR BORICK: That is Childs.

HIS HONOUR: Yes.

MR BORICK: Then we have got Dr Turner to finish.

HIS HONOUR: To complete.

MR BORICK: My understanding is we go to Professor  
French. Perhaps it might be an idea if my friend tells  
us what is in store for us.

MS McDONALD: I hope not to be too long with Dr Turner  
tomorrow. Then we have Professor French for the rest of  
the day. On Monday we have Elizabeth Dax and Dominic  
Dwyer who will obviously on quite discrete areas. On  
Tuesday we have Professor Gordon who will be more of a  
generalist. They will also be talking specifically  
about Mr Farenzee's case. In there somewhere Professor  
McDonald. Then on Wednesday we have Professor Kaldor  
and then on Thursday we have Gustav Nossal.

HIS HONOUR: We are going to have to find times for  
addresses. Perhaps if you can give my associate some  
idea as to when we might be able to find time for  
addresses and how long you might need to prepare  
addresses.

MS McDONALD: It might depend on where we go with  
written submissions, which has become more appealing the  
more I have thought about it given the nature of the  
case because this might effect whether we have some or  
any oral submissions to supplement.

HIS HONOUR: I think that we will have to have some  
oral submissions but I think if they are supplemented

with written submissions.  
MS McDONALD: The oral submissions first and then the  
written submissions?  
HIS HONOUR: Yes.  
MS McDONALD: I would think that would be the  
appropriate course.  
HIS HONOUR: We will have to find some time to do  
that.  
ADJOURNED 4.51 P.M. TO FRIDAY, 2 FEBRUARY 2007 AT 9.40 A.M.